

54050

Public Meeting  
Kentucky Avenue Wellfield Superfund Site  
Town of Horseheads Town Hall  
Town of Horseheads, New York

August 1, 1990

Reported by: PAMELA A. MORLEY  
Shorthand Reporter  
Notary Public

APPEARANCES:

ANN RYCHLENSKI; Public Affairs Specialist, U.S. Environmental  
Protection Agency, Region II.

KEVIN LYNCH; Chief, Western New York Compliance Section,  
U.S. Environmental Protection Agency, Region II.

JEFF JOSEPHSON; Remedial Project Manager, U.S. Environmental  
Protection Agency, Region II.

K. SUBBURAMU; Site Manager, Ebasco Services, Inc.  
(Environmental Protection Agency's Contractor).

JAMES DOYLE, ESQ.; Office of Regional Counsel, U.S.  
Environmental Protection Agency, Region II.

AR004663

1 MS. RYCHLENSKI: Good evening, ladies and  
2 gentlemen, and thank you for coming out this  
3 evening to this meeting hosted by Region II of  
4 the Environmental Protection Agency. The purpose  
5 of this meeting is to outline the agency's  
6 proposed plan to clean up groundwater contamina-  
7 tion at the Kentucky Avenue Wellfield Superfund  
8 Site in the town of Horseheads. I want to  
9 introduce the people up here at the table from  
10 EPA and the contractor of Ebasco that will be  
11 giving the presentation tonight, and I just want  
12 to let you know that there is indeed a  
13 stenographer present here this evening to provide  
14 an accurate record of this meeting because your  
15 comments are very important to us in the decision  
16 that will be made on how to deal with this site,  
17 and I'm going to ask you to please hold your  
18 questions to the very end of the meeting. When  
19 you do decide to ask a question, will you please  
20 stand and speak your name clearly and just exactly  
21 where it is that you live. We don't need your  
22 address, but just the town or village that you  
23 do live in.

24 The people up here with me, starting right  
25 here to my extreme right, Mr. Kevin Lynch from

AR004664

1 EPA, Kevin is the chief of our Western New York  
2 Compliance Branch, Region II, and what he's going  
3 to be giving you tonight is a brief history of  
4 the Kentucky Avenue Wellfield Site, and he's  
5 going to give you an idea of exactly how it is  
6 that the Superfund process works. Next to him  
7 is Mr. Jeff Josephson. He is the Remedial Project  
8 Manager for the site, and he's going to be talking  
9 to you about two things tonight. He's going to  
10 be giving you the results of the studies that  
11 were completed at the site, and he's also going to  
12 be talking to you about the proposed plan for  
13 cleanup, which is the main purpose of this  
14 meeting this evening. Next to Mr. Josephson is  
15 Mr. K. Subbaramu. He is with our contractor,  
16 Ebasco. He's the Site Manager over at the Kentucky  
17 Avenue Wellfield Site, and he's going to be talking  
18 about the Feasibility Study, which is the process  
19 by which we come to the decision about how we're  
20 going to handle the site ultimately. And also  
21 here to answer questions later on this  
22 evening is Mr. James Doyle, and Mr. Doyle is  
23 with our Office of Regional Counsel.

24 I just want to talk to you a little bit  
25 about community relations. I am a Public Affairs Officer  
AR004685

1 Specialist with EPA, Region II, and I'm the  
2 community relations liaison to this particular  
3 site. What my job is is to be your in into EPA.  
4 If you have questions about this site, if there  
5 are needs that you have regarding how this site  
6 is handled, if you need information, I'm the  
7 person you contact and I can get to the proper  
8 sources to answer your questions for you.

9 I just want to let you know that something  
10 that is very important to us and so that you know  
11 that what we talk about here and when we talk  
12 about public communication and citizen  
13 participation, EPA does indeed take that very,  
14 very seriously, and your commentary is extremely  
15 important to us. This is not a one-way monologue  
16 from EPA to you. This is a dialogue from you to  
17 us as well. One thing that we do want you to know  
18 is that you can comment on this plan, and your  
19 comments on our plan to handle groundwater  
20 contamination are very important in how we render  
21 our ultimate decision. And those comments can  
22 be addressed to Mr. Josephson in writing and  
23 they will also go on the record tonight through  
24 our stenographer.

25 Here we have information repositories. You

AR004666

1 see these documents that are sitting on the table?  
2 Those are all the documents -- of the documents  
3 those are not all, they're just some -- that  
4 pertain to this site, and those documents are  
5 available for your review in information  
6 repositories that have been specifically established  
7 for public review of those documents, and the  
8 repositories are at the New York State  
9 Department of Environmental Conservation, Region  
10 VIII and also here at the town of Horseheads Town  
11 Hall so that you can review the documents and  
12 comment on them.

13 We have a public comment period which goes  
14 until August 19th, so all of your comments must be  
15 postmarked by that date, and again, if you will  
16 please send them on to Mr. Josephson.

17 Before I open this program up this evening, I  
18 just want to acknowledge some people that are here  
19 this evening. Mr. George Harris and Mr. Gardner  
20 Cross, New York State DEC, Division of Hazardous  
21 Waste and Remediation; Andy Norton, New York State  
22 DEC; James Barr, Chemung County Health Department;  
23 and Ed Considine, Elmira Water Board. Is there  
24 anyone else that's here this evening from a state  
25 or local agency or elected official or their  
representative that we may have missed? Okay.

AR004657

1 In that case I'm going to throw the meeting open.  
2 Mr. Lynch?

3 MR. LYNCH: Tonight I'd like to explain the  
4 Superfund process we use for addressing a site and  
5 give a short history of the site. The site was  
6 nominated to the National Priorities List  
7 by the state that closed the Kentucky Avenue  
8 Well due to contamination with trichloroethylene,  
9 a common solvent used for degreasing. When a  
10 site is nominated, we gather information on the  
11 site and plug this information into a math-  
12 ematical model in an attempt to rank the site  
13 to see if it poses a risk to human health or the  
14 environment. If it ranks above a certain score,  
15 it gets on the list and then we can spend Superfund  
16 money to clean up the site. The analysis of the  
17 well in this case caused it to be included on  
18 the National Priorities List.

19 This site is different from those we  
20 normally address with Superfund. We usually have  
21 a hazardous waste facility, and we have to determine  
22 what is in the site, is anything leave the site, and  
23 if so, what is happening to it. What we're basically  
24 looking for is, what are the problems associated with  
25 the site. In this instance, we had a problem associated and  
AP004000

1 what we had to do was go out and find out how  
2 widespread the problem was and also try to  
3 attempt to find out what the sources of the  
4 problem were. We take the information that we  
5 gather and then form a Feasibility Study, which is to  
6 identify various alternative solutions to the  
7 problem and to determine what the best solution  
8 is. We then publish a Proposed Plan, hold a  
9 public meeting as we're doing tonight to get  
10 input from you, the community, as to what you  
11 think of our plan. We'll then make our decision,  
12 and we then publish this decision in what we call a  
13 Record of Decision. It's a legal document that  
14 allows us to go forward with the remedial design  
15 and the remedial implementation.

16 We also have a process for dealing with  
17 emergencies. If we discover a dangerous  
18 situation, we can take an emergency action,  
19 called a removal, at a site without doing a  
20 lengthy remedial investigation. At this site,  
21 in January of '86 we took a removal action to  
22 hook 49 homes whose wells were contaminated, to  
23 the public water supply.

24 As some of you may know, this is the second  
25

AR004669

1 Remedial Investigation/Feasibility Study that we  
2 have done at the site. This is not rare,  
3 unfortunately. At the end of the study we may  
4 need additional information to choose a final  
5 remedy or a solution for the entire site, but we  
6 do have enough information to take an action.  
7 We call these partial remedies operable units.

8 In November of 1985 the State Department of  
9 Environmental Conservation performed a Remedial  
10 Investigation/Feasibility Study to discover the  
11 extent of the groundwater contamination. As a  
12 result of that study we have hooked up additional  
13 residences to the public water supply, installed  
14 monitoring wells north of the Sullivan Street  
15 public water supply well, and have also performed  
16 this additional Remedial Investigation/  
17 Feasibility Study to attempt to identify sources  
18 of the contamination. We have completed that  
19 study, and tonight we are presenting our proposed  
20 plan. One thing I'd also like to mention on the  
21 actions we took to hook up people who are in the  
22 affected area of the plume to the public water  
23 supply. If there is anyone out there that you  
24 know of or if any of you are still on private  
25 wells, if anyone is in the affected area, if you

AR004670



1 would contact either us, the health department,  
2 or the DEC, the offer to hook up in the  
3 contaminated area to the public water supply  
4 still stands so just identify yourself at any  
5 time. Now I'd like to introduce Jeff Josephson  
6 who will give us the result of the Remedial  
7 Investigation.

8 MR. JOSEPHSON: I will now present the  
9 results of the Remedial Investigation conducted  
10 for the Kentucky Avenue Wellfield Site. EPA  
11 conducted this investigation in order to  
12 determine the sources of the TCE contamination  
13 at the Kentucky Avenue well. The study area  
14 which we were involved is bordered on the east by  
15 the Newtown Creek, the south by Elmira, on the west  
16 by Route 14, and to the north by Horseheads. In  
17 addition to determining the sources of contamina-  
18 tion to the Kentucky Avenue well, we also wanted  
19 to determine the extent to which this contamina-  
20 tion extends throughout the aquifer, in other  
21 words the groundwater.

22 Our investigation consisted of a soil boring  
23 investigation, a surface water and sediment  
24 investigation, and a groundwater investigation.  
25 The purpose of the soil boring investigation is to  
AP004671

1 to go to areas that have been identified as  
2 potential sources of contamination to the  
3 Kentucky Avenue Well, collect samples from the sub-  
4 surface, and to have these samples sent to our  
5 laboratory for analysis. The areas that we had  
6 investigated had been determined to be potential  
7 sources from previous investigations or other  
8 information obtained by EPA. These include the  
9 Chemung County Department of Highways Garage, the  
10 Old Horseheads Landfill, three properties  
11 formerly owned by the Koppers Company, the sand and  
12 gravel pit, and a small fill area north of Route  
13 17. In addition to these areas, some private  
14 parties, including Westinghouse Facility, the  
15 Facet Enterprises Facility, and the LRC  
16 Electronics Facility are conducting their own  
17 investigations with EPA or New York Department  
18 of Environmental Conservation for this site.

19 EPA went to each of these areas, and with  
20 the drill rig we actually drilled into the ground  
21 to collect our samples. The distribution of the  
22 samples that we collected was based on the Soil Gas  
23 Survey. We collected a total of one hundred  
24 forty-seven samples from these areas and had them  
25 sent to our laboratory for analysis. The

AR004672

1 samples were analyzed for a long list of  
2 potential contaminants. The results of the  
3 analysis indicated that none of these areas that  
4 were investigated by EPA contributed to the  
5 groundwater contamination at the Kentucky Avenue  
6 Wellfield Site. In addition, EPA conducted a  
7 limited surface water and sediment investigation  
8 along a drainage way that includes south of the  
9 Westinghouse Facility along the east margin of  
10 the Chemung County Department of Highways Garage  
11 into a pond south of the Old Horseheads Landfill  
12 and then continues south and eventually  
13 discharges into the Newtown Creek. The results  
14 of this investigation, which included collecting  
15 sediment samples from the bottoms of these streams  
16 and sending these sediment samples for analysis,  
17 indicated there is accumulation of heavy metals  
18 to above background levels in this drainage way.

19 Our groundwater investigation involved the  
20 installation of monitoring wells at areas that  
21 we thought would indicate to us the extent to  
22 which contamination exists throughout the Newtown  
23 Creek aquifer, that is, groundwater aquifer  
24 within this valley. The results of our investiga-  
25 tion indicate TCE contamination is the highest

AR004873

1 at the facilities that have been identified in  
2 the past as contributors to aquifer contamination.  
3 Throughout the rest of the aquifer the contamina-  
4 tion is at lower levels, but exceeds drinking  
5 water standards.

6 Information obtained by EPA from the New  
7 York State Department of Environmental  
8 Conservation indicates also that there is some  
9 TCE contamination at the LRC Electronics Facility.  
10 Information that the DEC has provided to us,  
11 however, indicates that they may not be  
12 contributing to the contamination of the Kentucky  
13 Avenue Wellfield. Information provided to us  
14 from Facet Enterprises and information gathered  
15 by our investigation indicates that the Facet  
16 Enterprises Site also does not contribute to the  
17 contamination at the Kentucky Avenue Well itself,  
18 but does contribute to contamination within the  
19 Newtown Creek aquifer.

20 To summarize the results of our investiga-  
21 tion, contributing sources of groundwater  
22 contamination, both organic and inorganic within the  
23 site, included Westinghouse Electric Corporation,  
24 Facet Enterprises and LRC Electronics. The Chemung  
25 County Department of Highways Garage, the Old  
Horseheads Landfill, the sand and gravel

AR001674

1 pit, and the Koppers Company do have inorganics at  
2 elevated levels but they do not appear to be  
3 contributing to the groundwater contamination. Our  
4 surface water and sediment investigation indicates  
5 that there is an accumulation of heavy metals in the  
6 sediments in the drainageway and pond that we  
7 investigated. Finally, our groundwater investigation  
8 has indicated that there is widespread contamination  
9 of groundwater by TCE, and there is also  
10 contamination of groundwater by some heavy metals.  
11 Contamination of groundwater by the heavy metals  
12 has been identified as primarily a particular  
13 phase. That's to say that the metals are absorbed  
14 to small particulars within the aquifer material.  
15 There was one detection of metals that was  
16 actually dissolved metals with the aquifer.

17 Now I turn the meeting over to Mr. Subburamu  
18 to discuss the Feasibility Study.

19 MR. SUBBURAMU: From the Remedial Investigation  
20 it was found that the groundwater is more  
21 contaminated compared to other media, so this  
22 Feasibility Study is mainly focused to remediate  
23 the groundwater contamination. The cleanup  
24 alternatives that were considered to restore the  
25 groundwater are: Restoration of Kentucky Avenue  
Well, minimization of site migration, and the third one

1 is restoration of Newtown Creek aquifer as a  
2 future groundwater source. To achieve that  
3 alternative for groundwater, these alternatives  
4 fall into three categories . The first one is  
5 no action, the second one is water restriction and  
6 permit requirements, and the third one is  
7 recover the groundwater and treat it and  
8 discharge.

9  
10 This involves three components as you see  
11 here. The recovery of groundwater can be  
12 achieved by one of these options here. We can  
13 extract the groundwater from Kentucky Avenue Well  
14 or extract groundwater from portions of the  
15 aquifer, and the third one is remediation of the  
16 entire aquifer. The groundwater is contaminated  
17 with two types of contaminants. The first type  
18 is metal contamination that are attached to  
19 suspended particles which can be easily treated  
20 by filtration, and the second type is volatile  
21 organics, mainly TCE, which can be treated by  
22 one of these processes: That's air stripping,  
23 carbon adsorption, or UV ozone oxidation. This  
24 treatment system would be designed to meet all  
25 the federal and state standards and requirements.

AP004676

1           The discharge options that were evaluated  
2           for the site are these three: After  
3           treatment, it will be discharged to a drinking  
4           water supply, or it can be discharged to surface  
5           water, or it can be put back to the ground by  
6           re-injection. The treatment alternatives can be  
7           formulated by a combination of these three  
8           categories of groundwater extraction, treatment,  
9           and discharge so there are a number of possible  
10          alternatives.

11           Now I invite Jeff to present the Remedial  
12          Alternative Evaluation.

13           MR. JOSEPHSON: As a part of the Remedial  
14          Investigation process, EPA conducted a risk  
15          assessment. A risk assessment uses all the data  
16          collected during the Remedial Investigation and  
17          looks at the exposure pathways to this contamina-  
18          tion and then estimates in a very conservative  
19          sense the risk that these contaminants may pose  
20          to the public. A risk assessment looks  
21          at, for example, ingestion of groundwater that's  
22          contaminated or ingestion of sediments.

23           Based on the results of our assessment, the  
24          largest risk posed by the site is ingestion of  
25          unfiltered groundwater, or untreated groundwater.

AR004677

1 EPA looked at a large number of alternatives  
2 which dealt with the remediation of the entire  
3 aquifer, remediation of a portion of the aquifer,  
4 restoration of the Kentucky Avenue Well as a  
5 public water supply well, no action alternative,  
6 and a water use restriction alternative which  
7 would be an administrative alternative that would  
8 put requirements on putting in a well and  
9 requires no active remediation.

10 The conditions imposed by the Kentucky  
11 Avenue Wellfield Site are complex. This is due  
12 to the fact that the contamination is widespread  
13 throughout the aquifer. It extends well beyond  
14 the Kentucky Avenue Well. In addition, another  
15 NPL site downgradient of the Kentucky Avenue Well  
16 Site contributes to this groundwater contamina-  
17 tion.

18 When EPA looks at remediation efforts for  
19 groundwater, we look to our classification of the  
20 groundwater or aquifer. EPA has classified this  
21 aquifer as a drinking water source. Therefore  
22 it is our policy to restore this aquifer to the  
23 drinking water standards. However, EPA has gathered  
24 data on restoration of aquifers and it's found  
25 that pump and treat systems are very effective

AR004678



1 at preventing contaminant migration, but  
2 predicting the ultimate concentration as to  
3 which we can achieve remediation was very  
4 difficult. But, this is due to the complex  
5 hydrogeologic conditions that may exist, or  
6 this may be due to sources that have not been  
7 identified which continue to contribute to the  
8 aquifer contamination. For these reasons, for  
9 the aquifer remediation, EPA is proposing an  
10 interim action. We are proposing to install a  
11 minimum number of pumping wells downgradient of  
12 the Westinghouse Facility. The groundwater  
13 will be recovered and treated and we  
14 believe could be redistributed to the public  
15 water supply. This would involve installation  
16 in this area right here. This action would be  
17 an interim action for the aquifer. That's to  
18 say that we may come back and we will re-evaluate  
19 the effectiveness of this remediation measure.  
20 If this remediation measure does appear to  
21 be successful in reducing contaminant levels to  
22 the amount that we expect, we may propose a final  
23 remedy for aquifer remediation.

24 As a second part of the remedial alternatives  
25 selected, EPA is proposing to restore the Kentucky

AR004679

1 Avenue Well to a public water supply, building a  
2 treatment plant for this well, and distributing  
3 this water to the public water supply.

4 I'll now open up the session to questions  
5 or comments.

6 MR. MANGES: I'm Richard Manges. I live in  
7 the village of Elmira Heights and I work for  
8 the County Health Department. Mr. Lynch, you  
9 said that if we knew of anyone within this area  
10 who was not hooked up, is that map the one that  
11 we're talking about?

12 MR. LYNCH: Yes.

13 MR. MANGES: That map extends considerably  
14 farther than we originally looked at.

15 MR. LYNCH: Yes.

16 MR. KEEFE: John Keefe, South Hampton Road,  
17 Elmira, New York. How deep do you consider so-  
18 called ground water?

19 MR. JOSEPHSON: When you say deep, you mean  
20 how far below the surface?

21 MR. KEEFE: How far below the surface do you  
22 consider groundwater?

23 MR. JOSEPHSON: The data that we collected  
24 indicates it was approximately fifteen to twenty-  
25 five feet below the ground surface.

MR. KEEFE: The deepest you went was ten,

AR001680

1                   you say?

2                   MR. JOSEPHSON: No. The deepest we went  
3 was -- well, the monitoring wells that were  
4 installed go down fifty or sixty feet in some  
5 locations. In other locations we're at twenty  
6 feet, thirty feet. I can show you --

7                   MR. KEEFE: That's all right. If you find  
8 it, I'll see it later on.

9                   MR. JOSEPHSON: Here it is. I can just  
10 show you an example of the types of investigation  
11 we did. This is the monitoring wells that we  
12 installed that were closest to the Westinghouse  
13 Facility. We had put in a shallow well, a deeper  
14 well, and a very deep well. This is the water  
15 table right here. This is the ground surface  
16 right here, so this well would be at approximately  
17 fifteen to twenty feet. This well would be at  
18 thirty or forty feet. This well would be at  
19 sixty or seventy feet.

20                   MR. KEEFE: The only other question I have  
21 for you is, how old would you say the material  
22 that you found in the intakes, how recent would  
23 those materials be? Do you have any idea of th  
24 age of the materials that you found in the  
25 intakes at all?

AR004681

1 MR. JOSEPHSON: I'm not sure which intakes.

2 MR. KEEFE: Well, you were talking about  
3 you found materials.

4 MR. JOSEPHSON: At the outfalls.

5 MR. KEEFE: Okay. How old would you say  
6 they were, how recent or whatever?

7 MR. JOSEPHSON: We recently collected data  
8 within the last few years with the Remedial  
9 Investigation report that we provided the public.  
10 We've incorporated other data that's been  
11 collected. Some of that data was collected by  
12 the Westinghouse Corporation during their  
13 investigation, and other data was collected by  
14 EPA approximately five years ago.

15 MR. KEEFE: I know it was collected from  
16 you, but did you investigate the fact that the  
17 actual material -- did you put an age analysis  
18 on the material?

19 MR. JOSEPHSON: No.

20 MR. KEEFE: Okay. Thank you.

21 MR. FAGAN: Dennis Fagan, Fagan Engineers,  
22 Elmira, New York. Just a question on sort of an  
23 overview. It's my understanding that the  
24 Sullivan Street Well has trace contamination  
25 also. How does this plan tie into your views on

AR004682

1 the Sullivan Street Well contamination and on  
2 the situation with the Facet potential contribution  
3 which is downstream of this project but possibly  
4 impacting Sullivan Street?

5 MR. JOSEPHSON: One thing that wasn't  
6 mentioned earlier, this spring EPA issued in the  
7 local paper a public notice which explained a  
8 difference to the original remedy that we  
9 selected in 1986. This public notice indicated  
10 that EPA has committed to building an air stripper  
11 or treatment system at the Sullivan Street  
12 Wellfield. That will reduce the level of  
13 contamination at the wellfield to below federally  
14 and state mandated drinking water levels.

15 At this point we haven't exactly begun  
16 design, but we're in the process of obtaining  
17 the money and the funds and the resources to  
18 build or to design that air stripper.

19 MR. FAGAN: What sort of time-frame are we looking at  
20 in the implementation of this Proposed Plan?

21 MR. JOSEPHSON: Approximately three years  
22 to design and construct, and then the actual  
23 remediation effort will take a long time; thirty  
24 years.

25 MR. DOYLE: The second half of your question

AR004683

1 with regard to Facet Facility, there is an  
2 on-going RI/FS, or Remedial Investigation/  
3 Feasibility Study, which, just as we've concluded  
4 here, Facet Enterprises is conducting it on its  
5 own with our oversight, and as a result of that  
6 study, we should have a better idea of just to  
7 what extent Facet is contributing to the  
8 contamination of the Newtown Creek aquifer.

9 MR. FAGAN: So there may be additional  
10 corrective work recommended in the future?

11 MR. JOSEPHSON: There almost definitely  
12 will. This is an interim action.

13 MR. SCARINGE: Dominic Scaringe, Elmira  
14 Water Board, Elmira, New York. Is there any  
15 action going on at Westinghouse as to actually  
16 cleaning up the source on the facility other  
17 than you barrier pumping that you've proposed?

18 MR. JOSEPHSON: Not to actually clean up  
19 the sediments.

20 MR. SCARINGE: You're just thinking pumping  
21 until you get the groundwater down to an  
22 acceptable level?

23 MR. JOSEPHSON: They're conducting an  
24 investigation and at some point EPA will determine  
25 the proper clean-up methods at that site.

44004684

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. SCARINGE: So that will be something done in the future. Also, what would be the pumping rate?

MR. JOSEPHSON: We've indicated in the proposed plan that we expect that to occur within the next two years.

MR. SCARINGE: But what would be the pumping rate at the barrier?

MR. JOSEPHSON: Approximately a total pumping rate of one hundred and forty gallons per minute.

MR. SCARINGE: Now there is a couple alternatives putting into the public water supply that treated water. That's a maybe? Where does that say?

MR. JOSEPHSON: We're here tonight to solicit public comments. We feel that the treatment systems that can be developed, designed, and constructed can easily treat groundwater to drinking water standards, and that's what we would like to do, that's our proposal.

MR. SCARINGE: Looking at your proposal I wasn't too sure of what system are you talking about; the village of Horseheads water system or the Elmira Water Board system?

AR004685

SF-SM1-25 PENGAD/INDY, MUNCIE, IN 47302

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. JOSEPHSON: The Elmira Water Board system.

MR. CAPARULO: Joseph Caparulo from Elmira Heights. You've mentioned that the most likely way for a resident to be contaminated is through actual drinking of the water, or you cited something about a child eating the soil. Those are the only two ways? In other words, if you don't have a well and your child does not eat dirt, you're considered to be in a safe area? I'm thinking about back yard gardens for vegetables. Is there any possibility of toxicity through eating of vegetables grown in the soil?

MR. LYNCH: Not that we've identified through this site, so it would be nothing from the groundwater that would be contributing to that up by --

MR. CAPARULO: Contaminants of such are not the type that would be --

MR. LYNCH: It's where they are. It's in the groundwater. The groundwater is deep enough underneath the soil that that is not the water that feeds the vegetables or feeds whatever is growing.

MR. CAPARULO: So the comment about the

AR094686

PENGAD/INDY. MUNCIE. IN 47302  
SF-SMI-28



1 soil, the child eating --

2 MR. LYNCH: That was just -- we're trying  
3 to give you an example of when we take the data  
4 what we do with it to try to determine what the  
5 risks are, and what we've determined on this is  
6 that the risk is due to the drinking of any  
7 untreated groundwater. That's why we encourage  
8 anyone who doesn't have a private well in the  
9 area that the water is indeed treated from, that  
10 they do get hooked up to public water supply.

11 MR. DOYLE: We have pointed out that in some  
12 of the areas we looked at, the green areas as  
13 you see on that chart, like the landfill itself,  
14 unless you have a garden in the landfill, you're  
15 all right. If the child were to go or anyone,  
16 it's just children are more likely to play  
17 around dirt, that would be a potential risk.  
18 It's not nearly as likely since people don't  
19 ingest soil that much, so it's a low risk.

20 MS. MCKINLEY: Teresa McKinley, State  
21 Engineer, Elmira, New York. In conjunction with  
22 that gentleman's question, the focus of this  
23 study was TCE contamination, but you've also  
24 found that there are organics in the soil  
25 and groundwater. Did you consider the possibility

AR 00-087

1 risk of toxicity of the uptake of metals  
2 both through the groundwater or through the  
3 people growing gardens on contaminated soils?

4 MR. JOSEPHSON: We did consider it. That's  
5 why we're proposing construction of a filtration  
6 plant that would eliminate the metals from the  
7 groundwater in the public water supply system.  
8 As far as uptake of metals by plants, the ground-  
9 water is twenty feet below the surface so there  
10 wouldn't be a root mass that would extend that  
11 far down.

12 MS. MCKINLEY: No, but root mass does extend  
13 into the soil that's contaminated.

14 MR. JOSEPHSON: Well, the soils are  
15 contaminated at the actual industrial sites.  
16 In general, in the neighborhood, they're not  
17 going to be contaminated unless there had been some  
18 kind of dumping of industrial outfall at that  
19 place.

20 MS. MCKINLEY: Did you do soil sampling in  
21 residential neighborhoods to ascertain that fact?

22 MR. JOSEPHSON: We did not for this  
23 investigation. There is no indication -- we  
24 went to the areas where we had indication that  
25 some kind of activity involving dumping or

AR004588

1 industrial activity may have occurred in the past.  
2 We wouldn't just go into a neighborhood and  
3 take a sample for no reason.

4 MR. DOYLE: We looked at instead historical  
5 photographs to determine in the past where industrial  
6 activity took place. So if housing were not placed  
7 on what was once an industrial facility, then we  
8 would have. Judging from the information we had  
9 and in terms of the practices in the valley, we  
10 looked at those sources. We didn't canvass the  
11 entire valley.

12 MR. LYNCH: We did identify the problem being  
13 TCE contamination, but when we do go out to do a  
14 study, we look at a full range of both organic and  
15 inorganic and we identify the problem. But we also  
16 want to find out why all the problems are associated.  
17 We did look at a wider range of chemicals than just  
18 the solvent.

19 UNIDENTIFIED SPEAKER: I live close to the  
20 dump area, and when the dump was being operated and  
21 I've been over there, on numerous occasions dump  
22 stuff, and the barrels of stuff would be brought in  
23 from Eclipse Natural Glass and even down from Corning,  
24 and dump there. Now there were barrels sealed with  
25 liquids. What's going to be done about that

APR 07 6 89

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

stuff going to be excavated and removed or what?

MR. JOSEPHSON: The information that we collected did not indicate that there was contamination in the soils at that area.

UNIDENTIFIED SPEAKER: Well, I disagree with you.

MR. LYNCH: The focus of this investigation was to determine the groundwater problem and what was there, if these were sources to the groundwater, so there was not a full characterization done at every single site to determine all the problems. The information that we have gathered, however, I know on this landfill, we have given to the state DEC and I don't know what their plans are in their landfill closure program, but they may be addressing that. But we did not address it as part of this.

MR. HARRIS: I'd like to speak to that just briefly. We would like to take your name and get that information from you. Basically, what is planned at this point for the landfill, there will be a Phase II study conducted for that plant.

MR. CROSS: We're right at the point in the investigation now. There are people looking

AR034690

BF-5MI-23 PENGAD/INDY. MUNCIE. IN 47302

1 UNIDENTIFIED SPEAKER: I do know there are  
2 things, barrels, from different factories. They  
3 were dumped in that area.

4 MR. HARRIS: We'll get your name, and we'd  
5 like to speak to you briefly.

6 MR. FAGAN: Dennis Fagan again. Since you're going  
7 to conduct a Phase II investigation, do you have a  
8 time schedule in actually completing that work  
9 and starting that work? One of the concerns  
10 we have locally is being onto a list and not  
11 seeing projects implemented in a timely manner.  
12 Is there a specific time frame that DEC has to  
13 conduct these Phase II investigations?

14 MR. HARRIS: We don't actually conduct the  
15 Phase II study. We work with a bureau that does  
16 that. I would say, generally speaking, a Phase II  
17 study on this site would probably start in a  
18 year. It's possible that the town could conduct  
19 the study themselves if they wanted to. They'd  
20 have to contact our bureau to make those  
21 arrangements, but it is possible.

22 MS. MCKINLEY: Teresa McKinley again. I  
23 have a question regarding LRC, and you spoke,  
24 and in the report you talked about TCE contamina-  
25 tion in the groundwater. Did you ever map, you

AR004691

1 know, sink wells and take groundwater samples heading  
2 out past Agway to the aquifer, because the last  
3 I got from that was you found contamination in the  
4 well by Agway, and you assumed that they were  
5 contaminated also. Did you do follow-up samples?

6 MR. JOSEPHSON: The investigation at LRC is  
7 being overseen by the New York State DEC. They  
8 can probably address that question.

9 MR. CROSS: Gardner Cross with DEC, Albany.  
10 We have done some limited sampling of existing wells,  
11 and there have been some monitoring wells installed  
12 in the area that you're speaking of, but the  
13 progress in getting those wells installed has not  
14 been very rapid. It appears that we shall be  
15 making some progress, probably in the next few  
16 months in getting more wells installed to see  
17 how far the plume at LRC has progressed.

18 Right now the contamination that's left on  
19 the LRC site appears to be relatively low-level.  
20 That's not to say if we look a little farther  
21 away from the site, some of the stuff that was  
22 disposed of a few years ago may not be a little  
23 stronger, but that investigation is ongoing and  
24 in a relatively short time I should have some  
25 more information for you.

AR004692

1 MS. MCKINLEY: Have you done any water  
2 sampling at the high school to see if that area  
3 is contaminated?

4 MR. CROSS: The high school is way  
5 upgradient. The upgradient wells at the LRC  
6 Facility itself are quite clean. The problem  
7 appears to be in the immediate area south and  
8 east of the LRC Facility.

9 MS. RYCHLENSKI: Any other questions or  
10 comments?

11 MR. SCARINGE: One more clarification on the  
12 progress of putting an air stripper in Sullivan  
13 Street. Where are we in that phase? Like  
14 Dennis Fagan has said, these things seem to be  
15 ongoing, but nothing ever seems to be a concrete  
16 benefit that would actually start benefiting the  
17 public drinking supply.

18 MR. JOSEPHSON: As I indicated, we're in  
19 the process of obtaining the money to do it.  
20 That's going to involve -- what we basically  
21 have to do is write out a budget and have it  
22 approved through the region, and we're working  
23 on it. It's going to take a little bit of time.  
24 We believe that once it's approved, we can  
25 design the air stripper, with your help, in

AR004693

1 approximately six weeks. We think that's how  
2 long it will take at this time. Then we believe  
3 it may take approximately three months to  
4 actually construct this.

5 MR. SCARINGE: Is there any possibility of  
6 1991 being a target?

7 MR. JOSEPHSON: Yes, sir, there is a  
8 possibility.

9 MR. KEEFE: John Keefe again. Can you see  
10 a budget being worked up with any different  
11 figures than what you've already presented in  
12 this report?

13 MR. LYNCH: This is outside of the report.  
14 This is based on the earlier work. This is just  
15 the unfortunate bureaucratic way we have to go  
16 about doing things.

17 MS. RYCHLENSKI: Anyone else?

18 MR. KEEFE: I think, for the record, we  
19 should expediate this with the highest speed  
20 that we possibly can and get going on this thing.  
21 The dearest thing we have in the area, any area,  
22 is the water. Can't waste it, can't lose it.

23 MS. RYCHLENSKI: Okay. If there are no more  
24 questions or comments, we will end this meeting  
25 and we thank you very much. If you want to make

AR004694



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

any written comments, they go to Mr. Josephson  
by the 19th, and if you haven't signed in,  
please do so so that we can add you to our  
mailing list and keep you abreast of what we're  
doing with this site. Thanks again. Good night.

\* \* \*

AR004695

PENGAD/INDY. MUNCIE, IN 47302  
SF-SMI-25


PENGAD/INDY. MUNCIE. IN 47302  
SF-SMI-25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

IN THE MATTER OF: Public Meeting  
Kentucky Avenue Wellfield Superfund Site  
HELD AT: Town of Horseheads Town Hall  
Town of Horseheads, New York  
HELD ON: August 1, 1990  
BEFORE: Pamela A. Morley  
Shorthand Reporter  
Notary Public

This is to certify that the foregoing is a true and correct transcript, to the best of my ability, of the verbatim stenographic minutes of the public meeting held in the above-entitled matter, at the above-mentioned place, on the above-mentioned date, and of the whole thereof, taken by Pamela A. Morley.



PAMELA A. MORLEY  
Shorthand Reporter  
Notary Public

VERBATIM COURT REPORTING SERVICE  
402 West Church Street  
Elmira, New York 14901  
Telephone 607-733-1262

AR004696



UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

REGION II  
26 FEDERAL PLAZA  
NEW YORK, NEW YORK 10278

KENTUCKY AVENUE WELLFIELD SUPERFUND SITE

Sign-In Sheet  
August 1, 1990  
Town of Horseheads, New York

Please be sure to print your name and address clearly so that we can add you to our mailing list:

<u>Name</u>	<u>Address</u>
Joanne Kaidano	379 Tammall St Edison, NJ 08837
Al Curran	355 E. Frankli. ST Horseheads NY 14845
Herbert J. Coy	193 Clair Blvd Hhd 14845
Joseph J. Caparulo	153 Robinwood Ave Elmira 14903
Ed. Conzidine	312 W. Water St. Elmira 14905
Charles Staller	210 W. Center St Elmira NY 14901
John P. Mustina, Jr	126 W. 1st St Horseheads, NY
Tom M. Niche	201 WALNUT ST. ELMIRA NY 14901
P B HOOLAND	1415 W. WATER ST ELMIRA NY 14905
Joseph A. Conforte	4162 Center St H H D S.
Richard H. Mangus	121 Oakwood Ave Elm Hhd. 14903
Gardine Cross	17 DEC 50 W. FIRD Albany 12122
Jae Mustina	T. of Hhd. 304 W. Hill St Elmira, NY 14901
Carmen Chester	State Gazette, Elmira
Cynthia J. Hinkins	Sayles, Evans 1 W. Church St Elmira 14901
Edward J. Lorenz, Jr	Toshiba Display Devices, Inc. Horseheads, NY 14845
John J. Kufe, IV	366 S. Hampton Rd Elmira NY 14904



UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

REGION II  
26 FEDERAL PLAZA  
NEW YORK, NEW YORK 10278

KENTUCKY AVENUE WELLFIELD SUPERFUND SITE

Sign-In Sheet  
August 1, 1990  
Town of Horseheads, New York

Please be sure to print your name and address clearly so that we can add you to our mailing list:

<u>Name</u>	<u>Address</u>
KEVIN LYNCH - USEPA	26 FEDERAL PLZ. N.Y. NY 10278
Jim Doyle - USEPA	26 Federal Plaza NY NY 10278
ANN Rychlenski - USEPA	26 Federal PLAZA, N.Y. 10278
JEFF JERISON - USEPA	26 Federal Plaza, N.Y. 10278
Lee H. Younger	EMC 425-447 PA. Ave. Elmira 14904
Nazual Campbell	101 Bird E Elmira NY 14903
KEN PLUMMER	3263 EASTBROOK DR 14645
ERIC T. MANLESS	103 FIORINI DR. New Stanton PA 15672
Kenneth Bohrer	530 Perkins Ave., Horsehead
Andy Norton	NYSDEC 6274 East Avon-Hima Road, Avon, N.Y. 14414
Jim MARTENS	206 Pine Forest Horseheads NY 14958
<del>Tessa McKinley</del> Fagan Engr.	113 E Chemung Pl. Elmira NY 14904
Dennis Fagan	" " " " " "
Bill Towne	140 Birchcliff Dr. Horseheads NY 14904
Dominic M. Scaringe	261 W. Water St. Elmira, AR004698
Harold Phillips	3216 Groff Rd. 14445
James Barr	Chemung Co Health Dept Elmira

